



UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

REGION IX

75 Hawthorne Street  
San Francisco, CA 94105-3901

April 01, 1998

Dear SSFL Workgroup Member:

Re: **DRAFT Transcript of the *JANUARY 28, 1998* SSFL Workgroup.**

Please review the enclosed transcript, making corrections to factual information and spelling errors. Also, add clarifications where appropriate. Tom and I have made an attempt to identify speakers wherever the designation of "unidentified speaker" appears. We would appreciate your help in this effort.

We're asking you to provide your corrections by APRIL 17, directly to:

**Mark Sanchez**  
**Tetra Tech EM Inc.**  
**135 main Street, Suite 1800**  
**San Francisco, CA 94105**

**Phone: 415-222-8220 Fax: 415-543-5480**

Mark will consolidate all comments and will provide revised pages only to each Workgroup member, so be sure to save your original draft transcript. Also, these revisions will be provided to each of the three repositories along with a copy of the certified original transcript.

Thank you for your consideration and input. If you have any concerns or questions, please call me at 415-744-2184 or toll free at 800-231-3075.

Sincerely,

A handwritten signature in cursive script that reads "Vicky M. Semones".

Vicky M. Semones  
Community Involvement Coordinator

Enclosure: January 28, 1998 Transcript

[sfl-trns.jan]

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

WORKGROUP MEETING  
TRANSCRIPT OF PROCEEDINGS  
SIMI VALLEY, CALIFORNIA  
WEDNESDAY, JANUARY 28, 1998

ATKINSON-BAKER, INC.  
CERTIFIED SHORTHAND REPORTERS  
330 North Brand Boulevard, Suite 250  
Glendale, California 91203  
(818) 551-7300

REPORTED BY: KAREN E. GEER, CSR No. 9781

FILE NO. 9802274

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**WORKGROUP MEETING**

TRANSCRIPT OF PROCEEDINGS, at 3900 Avenita  
Simi Boulevard, Simi Valley, California, commencing  
at 7:00 p.m., Wednesday, January 28, 1998, before  
Karen E. Geer, CSR No. 9781.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S :

- Vicky Semones
- Tom Kelly
- Paul Baldenweg
- Conrad Sherman
- Mark Sanchez
- Unidentified Attendees



I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXHIBITS:

(None.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

MS. SEMONES: Good evening. My name is Vicky Semones. I'm with the USEPA Community Involvement office. I apologize for starting a little late, but as you can see, we're rather small in number this evening, and we wanted to wait to make sure we had as many people as possible to begin this evening.

First of all, please be sure you have signed in tonight. That's for EPA's mailing list, and also there's quite a nice variety of handouts in the back that I think will be useful for you not only through the evening but to reflect back on to supplement what you hear tonight.

Also we wanted to advise you as you came in, I hope you each got a little note here about the evening, that there are some low level household sources of radiation and what are known as exempt sealed check sources that are not subject to regulation that are on display behind me here and are going to be used in the demonstrations tonight, and as they are being presented tonight, they are not harmful to you, and if you have any problem with any of that, please let any of us know.

The Santa Susanna Field Lab Work Group meets quarterly. Our last regular discussion was in

1      October, and in December we also held a special <sup>topic</sup> ~~focus~~  
2      ~~group~~ <sup>presentation</sup> with the Regional Water Quality Control Board.  
3      We're beginning this year with a special presentation  
4      this evening on a workshop on radiation survey  
5      techniques with presentations by DHS and EPA's  
6      contractor, Tetra Tech. We're planning our next  
7      regular discussion work group meeting for March 4,  
8      and we've contacted the work group members on that.  
9      We have not yet set an agenda, but we will be working  
10     with each of the work group members to do that over  
11     the next month.

12                     Although we set this date aside in  
13     October and assumed that a lot of people would be  
14     keeping this in mind, despite our best efforts at  
15     EPA, we encountered a problem with our mail room in  
16     the issuance of the flier that was announcing this  
17     event; so I think that's why we have reduced  
18     attendance this evening, but I want to thank you very  
19     much for being here this evening in spite of that; so  
20     please accept our apologies.

21                     We've also made a special effort to  
22     consolidate our mailing list. We've had a number of  
23     comments about that in the past, that some of you  
24     have been getting duplicate and even triplicate  
25     mailings; so we have consolidated that and made all

1 these revisions so those of you who did get a flier  
2 tonight, we hope you only got one.

3 Also the work group has received the  
4 transcript from the October meeting -- I believe the  
5 October 29 -- and just before coming down here, we --  
6 I ~~was delivered~~<sup>received</sup> the transcript from December 9, and  
7 I'll make that available to you all prior to the  
8 March meeting so you'll have an opportunity to review  
9 that.

10 So this evening, if I can direct your  
11 attention to the agenda, I'll turn this over  
12 momentarily to Tom Kelly from EPA for program  
13 updates. Then we'll have a demonstration by DHS on  
14 survey techniques and sources and equipment, followed  
15 by a question-and-answer period, and then we'll move  
16 on to Conrad Sherman who is with Tetra Tech, EPA's  
17 contractor, for additional survey techniques and a  
18 demo, some additional questions you may have from his  
19 presentation, and then we'll have an opportunity for  
20 you all to come forward and actually get acquainted  
21 with all of the items up here.

22 So thank you again, and let me turn it  
23 over -- actually I would like, first of all, to have  
24 the work group members identify themselves if they  
25 would please. Would you mind? Shall we start up

1 here in front.

2 (The members identify themselves.)

3 MS. SEMONES: We have Phil Rutherford here  
4 from Rocketdyn<sup>E</sup>.

5 (The remaining members identify  
6 themselves.)

7 MS. SEMONES: And I hope you don't mind we  
8 have you sitting out here tonight, but I think you  
9 can see, because of the format, this should work out  
10 fairly well. Okay. Thank you very much. Tom...

11 MR. KELLY: I really don't have too many  
12 things to cover. I did want to mention that we had  
13 sent out the building 12 documentation of the clean  
14 up there to the work group members. It wasn't the  
15 intent that we were going to cover that here, but we  
16 did want to provide that as some background into the  
17 survey procedures that they do; so if you have  
18 questions about instruments or surveys, we thought  
19 that might stir those types of questions which is why  
20 we sent them out. That's certainly an item we can  
21 set on the agenda for the next work group meeting is  
22 to go into those reports in more detail. We can  
23 definitely do that.

24 As Vicky mentioned, our contractor is  
25 here. We had a request to bring Greg Dempsey in. I

1 know we've always appreciated his involvement. He  
2 wasn't able to make it to the meeting tonight, and  
3 he's told us in the past, while he's willing to be  
4 involved in the facility in the future and he's  
5 willing to work with DOE on a survey of the site,  
6 large area survey down the road, with regards to  
7 looking at specific buildings, we'll be relying on  
8 the expertise of our contractors as well as I'll be  
9 reviewing documents and other people at EPA.

10 So in addition, you're probably all  
11 aware, but I'll just refresh people's memories.  
12 Rocketdyn<sup>e</sup><sub>A</sub> is the ones who actually do the work in  
13 decontaminating a lot of their facilities. Then they  
14 complete a final survey of their facilities, and  
15 those facilities are also surveyed by the Department  
16 of Health Services and by ORISE. It's an independent  
17 third party review, and some people have questioned  
18 that because the Department of Energy pays ORISE to  
19 do that, but they actually have a good reputation in  
20 the radiation field and in the work that they do; so  
21 we do -- we are interested in bringing in Oakridge --  
22 the Oakridge Institute of Science and Education,  
23 ORISE, into a meeting, and we hope that we can work  
24 that out with DOE in the future, but we weren't able  
25 to bring them here.



1                   Hopefully this workshop will be  
2   informative. We would like to have Paul give a  
3   presentation and an opportunity for some questions  
4   for him on the things that he's covered. Then we'll  
5   have Conrad also with a short presentation and an  
6   opportunity for questions, and then we'd really like  
7   to see people come up and have an opportunity to make  
8   some measurements for themselves on a lot of this  
9   type of stuff.

10                   There are a couple of instruments which  
11   people can identify as you come up that are a little  
12   too sensitive, and they don't really want people  
13   handling, but by and large, most of them can be  
14   handled, and we hope we can make this real  
15   interactive and you can get an opportunity to see how  
16   this stuff works.

17                   With that, I'll turn it over to Paul.

18                   MS. SEMONES: I just didn't want to overlook  
19   Ingrid <sup>Hodgson</sup>~~Hopsin~~ also from Rocketdyn<sup>e</sup> who came here  
20   tonight. We're very pleased that she's here.

21                   MR. BALDENWEG: Hi. I'm Paul Baldenweg, DHS.

22                   To give you a background, DHS is  
23   responsible to do confirmation surveys. That is, if  
24   we follow the process, Rocketdyn<sup>e</sup> will do -- take a  
25   building. They will do a contamination survey. They

1 will identify spots that need to be cleaned up. They  
2 will clean them up. A lot of times they will have a  
3 party come in, which would be like ORISE on a DOE  
4 project, and DHS, us, will come in and do a  
5 confirmation survey after them, after we review all  
6 the documentation.

7           What we are going to show you tonight is  
8 the different instruments we use. Some we have check  
9 sources to show you how we verify that our  
10 instruments are functioning, and we also brought in  
11 some common household products and things that are  
12 manufactured that are radioactive and that we're all  
13 very familiar with.

14           I'm going to try to follow my agenda.  
15 If you found my four page handout, I apologize for  
16 not getting it to you. I only put it together today.  
17 It says on the front -- it's real simple. Workshop  
18 on Radiation Survey Techniques, little four page  
19 thing. That came from us, DHS. It came from me.  
20 It's real simple. I did the first part on the index  
21 on what DHS is really responsible.

22           I'm going to talk just a little bit  
23 about NORM and background radiation. NORM is  
24 naturally <sup>occurring</sup> ~~accruing~~ radioactive material. It's very  
25 common. Thorium is a good one. What's in this is



1 typical mantle. This is really a natural that's  
2 manufactured, but you're -- giving a better example  
3 is there's a company called Molicore on the way to  
4 Las Vegas. They literally take rare earths, and it's  
5 NORM product that they mine out of the ground, and  
6 they end up making -- it turns it through a whole  
7 process. It's owned by Union Oil. They make the  
8 color in TV screens, color TV screens. It's a big  
9 process that they go through, but they actually mine  
10 naturally ~~accruing~~<sup>occurring</sup> radioactive material.

11 And then the other one is background.  
12 If I turn one of these meters on, it's very typical.  
13 This is what's called a Geiger-Mueller, GM,  
14 Geiger-Mueller, or Geiger counter. If I turn it on,  
15 you're going to hear chirps. Now, I could take it  
16 over here away from everything else. Can you all  
17 hear that? That's background radiation, background  
18 radiation from the ground, from terrestrial, from the  
19 sky. We have radiation from our bodies, but that's  
20 what you're hearing is background radiation.

21 Okay. Now, definitions -- let's go to  
22 the next page. The only ones I'm really going to go  
23 into detail are number 2, 3, 4, 5, and actually I'm  
24 not going to go into that much detail. I'm going to  
25 read them verbatim. Radioactivity: Some atoms have

1 nuclei that contain an excess of energy. Such atoms  
2 exist in an abnormally excited state, characterized  
3 by an unstable nucleus. To reach stability, the  
4 nucleus spontaneously emits particles and energy and  
5 transforms into another atom. This process is called  
6 radioactive disintegration. That's what all of these  
7 products do right here.

8           It goes on to say the process is called  
9 radioactive disintegration or radioactive decay. The  
10 atoms involved are radionuclides. That's what these  
11 are. These transformations and subsequent release of  
12 energy are most commonly accomplished by the  
13 production of either one of three phenomena:

14 Alpha, beta, or gamma radiation. We can represent  
15 each one of those here. We have different things  
16 that are representative of alpha, beta, and gamma.

17           Alpha particles: An alpha particle is a  
18 highly energetic helium nucleus that is emitted from  
19 the nucleus of the radioactive isotope when the  
20 neutron to proton ratio is too low. It is a  
21 positively charge, massive particle, consisting of an  
22 assembly of two protons and two neutrons. Alpha  
23 particles only travel within centimeters and can be  
24 stopped by a piece of paper.

25           Okay. What I have here is thorium 230

1 source. Again these are all exempt quantity. We do  
2 not regulate them. We have to purchase them, but  
3 they're unregulated; so they're very safe. I'm not  
4 concerned with them. I'm going to give you an idea.

5 First of all, let me talk about this  
6 real quick. This is an alpha probe. Just like this  
7 is too. Made by the same company but used in  
8 different ways. This is a beta instrument. This is  
9 a gamma instrument. This is called a micro R meter.  
10 This is a very typical ion chamber. This also is a  
11 gamma meter. We use it all the time at Rocketdyn<sup>e</sup>.  
12 The difference between this gamma meter and this one,  
13 this one is much more sensitive. It will read at a  
14 lower range. It can pick up smaller quantities  
15 easier with this. I will use this. This is a higher  
16 energy unit. If you're going to transport  
17 radioactive materials on public streets and highways,  
18 it requires you meet certain DOT requirements,  
19 Department of Transportation requirements, federal  
20 requirements. I will measure those radiation  
21 external measurements with this ion chamber. That's  
22 the difference between using this and a micro R  
23 meter.

24 Roentgen is defined as an in-air  
25 exposure. That's where this is by definition a TI,

1 transported index instrument, in-air instrument.  
2 That's where this comes in, right here. If they do  
3 not meet certain -- if they see certain levels, we  
4 will not let them ship it out by the DOT regulations,  
5 and that's what we measure it with.

6 Now, we talked about alpha. This is an  
7 alpha -- this is an alpha source. Now, the thing  
8 with alpha now, alpha do not penetrate. They  
9 won't -- I'll demonstrate. It won't even penetrate a  
10 piece of paper; so it's an not an external hazard.  
11 If you had it right next to you and laid it on your  
12 skin, your skin is dead tissue; so it's really not a  
13 problem. This will not penetrate the dead tissue; so  
14 it's not an external problem. You've always heard  
15 this or heard this before. It's an internal problem.  
16 If you have it loose, it's free form, it's  
17 contaminating, it's in the air and you breathe it in  
18 or ingest, it becomes an internal problem because  
19 there's live tissue there. It sits there for many  
20 years sometimes, and it be lead tagged. It goes in  
21 the bone and stays in the bone. You have both of  
22 them. You have half life to here, physical half  
23 life, and then you have a biological half life. It  
24 stays in the body for a long time. It keeps exposing  
25 the patient or the person for a long time.

1                   I'm going to show you how this works.  
2   Now, this will not pick up background. You won't  
3   hear a lot of background in here. You get maybe one  
4   chirp a minute or two minutes or something like that.  
5   It's not a big deal. Watch what happens when you get  
6   close now. You've got to get very close now. Alpha  
7   only travel about a centimeter. They do not go any  
8   farther than that; so you've got to get right up on  
9   this. Watch me do this. You've got to get right up  
10  on it. See that. Watch my distance. If I go really  
11  close to it, see how it goes away. They only travel  
12  a short distance.

13                   Now, when we're surveying with this,  
14  what do we have to do? We have to be really close to  
15  the surface. If you see a guy with an alpha probe,  
16  he's looking for an alpha emitter, and he's standing  
17  two inches or three inches away from the surface, he  
18  hasn't got it. He is not even going to get close.  
19  He's not going to see it. So what I do in this very  
20  sensitive -- this is the only instrument I don't want  
21  you guys to touch. It's very expensive to change this  
22  out. So when I survey, I take my fingertip, and I  
23  don't want to get anything on the end of it. I stand  
24  and run it real slow over the surface. I don't want  
25  to be right on it because there could be a nail

1 sticking up. It could be some imperfection on the  
2 surface. It could puncture my surface here, and then  
3 I'm having problems.

4 We talked about the paper. You've got  
5 the radiation. I'm setting it right here. Now, take  
6 just a piece of manilla envelope, put it on top.  
7 Same source right there, and I'm laying it right on  
8 top now. It's not there. It's gone. When you hear  
9 about an alpha particle being <sup>attenuated</sup>~~transmitted~~ by a piece of  
10 paper, it's true. It does work that way.

11 I appreciate when you do come up, this  
12 is the only one I really don't want you to handle too  
13 much. You're welcome to, but just be careful with  
14 it.

15 Now, this is really a beta meter, but it  
16 will measure -- it will measure other instruments. ?  
17 It's just not really efficient to do that. This is  
18 really a beta meter. Again I've got a whole packets  
19 of check sources here. Here's pure beta emitter.  
20 It's an energetic, very energetic beta meter.  
21 Commonly used in the medical field, used to be. If  
22 you had a cancerous growth on your eye, they use  
23 contact therapy.

24 Now, if you listen to this, can you hear  
25 that? Now, beta will travel a little farther than

1 that. It's more penetrating, but this is a --  
2 distance is always going to be a criteria for safety.  
3 Radiation follows all electromagnetic spectrum. If I  
4 double my distance, I'm going to get four times less  
5 radiation. The cheapest way to safeguard yourself is  
6 distance. As I pull away, I'm going to get less  
7 radiation. Now, here's a piece of just linoleum. Is  
8 that what it is? That's enough to stop the beta.  
9 It's gone.

10 Now, lastly is gamma. I've got a bunch  
11 of sources for gamma, but very, very common -- very  
12 common thing is <sup>Cesium</sup>~~cesium~~ (phonetic) 137. We use it all  
13 the time. It's use in the industry. It's used in  
14 industrial radiography. It's commonly used as a  
15 check source. It's used as a calibration source a  
16 lot of times. It's got a long half life. You can  
17 take any one of these gamma meters, and you'll see it  
18 really go off. Just the -- extremely sensitive  
19 gamma. It is a really small source. Can you hear  
20 that go off? Now, gamma is very similar to x-ray.  
21 Very similar. The difference being this is emitted  
22 from the nucleus, whereas x-ray is produced outside  
23 the nucleus. It's very penetrating, goes very long  
24 distance. This is where the lead shielding comes in.  
25 It takes lead to stop it. Can you see that

1 difference? Do you see it's faster? It's moving  
2 faster. Watch. It's hard. See that? Now, this  
3 should go back the way it was over here. Hear? See  
4 that? Change positions. See that now? Does  
5 everybody see that dial? We had a background of 10  
6 micro R per hour, and with the source here, we've got  
7 it right about 22 micro R per hour. At least doubled  
8 it. Let's put the lead in there. We're back down to  
9 about 15, 16; so it will be <sup>attenuated</sup> ~~tinuated~~ by the lead  
10 itself.

11 Common shielding for gamma are lead,  
12 concrete. Concrete is cheaper. The thicker you make  
13 your lead, the problem with lead if you try to make  
14 lead that was an inch or two inches thick and you  
15 made it on the whole wall, eight by ten or something  
16 like that, by sheer mass inside and weight, it kind  
17 of falls ~~off~~. You can't put it up on the wall; so  
18 they start using concrete.

19 Those are the different types of  
20 instruments. Now, commonly -- what we want to do is  
21 talk about some common things. We talked about the  
22 typical mantle lantern. This has thorium in it. You  
23 can pick it up with the alpha. But they do make now  
24 a gold -- the old ones were the green, and then you  
25 have of the pink ones. Both of these have thorium.



1 They do make a new one. It's a gold label, and that  
2 doesn't have thorium in it. See, that has the  
3 thorium in it.

4 Very typical too is your smoke alarm.  
5 This has a little tiny piece of americium in it,  
6 americium 241. It's an alpha emitter. Keep in mind  
7 it's in a little tiny shield so you won't see -- it's  
8 only got a little tiny foil in it. You won't hear it  
9 here because it would be -- a piece of paper would do  
10 it -- right -- so you won't hear it, but americium,  
11 one of the good products of it that's used quite  
12 often in the industry, it's gone a photon; so that  
13 would definitely go through paper. We could pick it  
14 up with the micro R. Can you hear a little increase  
15 on that? Small tiny source. It's got a little  
16 photon in there. Some nuclei like americium will  
17 have different things coming off. They're not all  
18 unique to gamma, alpha, or beta.

19 Americium have both alpha -- mostly  
20 alpha but it also has a 60 <sup>KeV</sup> ~~KEB~~ photon coming off  
21 here. This is a gamma meter. This is another smoke  
22 alarm, same principle. This is -- some of these  
23 people remember Fiestaware. The paint on this -- has  
24 anybody ever seen this? This is Fiestaware. It's  
25 uranium. That took off, didn't it? It's the glaze

1     itself. Right. I just got -- very common, this is  
2     still around. You can go to an antique shop and find  
3     this occasionally. You can find it at swap meets,  
4     people selling old stuff. It's hard to find, but  
5     it's still out there. Is it dangerous? No. I  
6     wouldn't boil water in it and drink out of that.  
7     It's not going to easily come off, but you can  
8     process it off. I used to have a couple pieces of  
9     that. You can't manufacture it, but you can -- it's  
10    still around.

11                                 (Inaudible discussion held.)

12                 MR. BALDENWEG: I just got one about two  
13    months ago, a really tiny tea pot one, and I gave it  
14    a to an old friend of mine, and I'm so disappointed  
15    because I don't have any left.

16                         Here's a good example, and that's  
17    another natural <sup>occurring</sup> ~~accruing~~ radioactive material.  
18    You've all heard of radon. It's a daughter product  
19    of radium. What happened is Phil Rutherford took his  
20    TV screen, and any time you're in a confined space,  
21    more often in some states than others, Pennsylvania  
22    is high radium, Colorado is high radium. Not so much  
23    in California, but if you get radon inside a  
24    building, especially a closed environment, your TV  
25    screen -- in the first 24 hours the daughter products

1 of radium are real strong. <sup>I'll</sup> ~~I've~~ be out there, and  
2 I'll open a radium container that's confined, so  
3 you're going to have a lot of daughter<sup>s</sup>. Now, take a  
4 wipe inside that container and it's hot. 24 hours  
5 later a lot of the daughters have died out; so  
6 they're gone, but you still have them -- you don't  
7 have the radium, but you still have other products.  
8 You don't have the radon, but this was hot. It died  
9 off.

10 (Inaudible discussion held.)

11 MR. BALDENWEG: Again in California it's not a  
12 real big issue. About four or five years ago, we did  
13 a complete survey. Steve <sup>HSU</sup> ~~SHU~~ is from the  
14 Environmental Assessment Group.

15 MR. <sup>HSU</sup> ~~SHU~~: Our assistant branch, environmental  
16 management branch, they're in the charge of the radon  
17 monitoring program. They were able to leave because  
18 the temperature range in California is not that -- so  
19 people can open the windows. Once the windows are  
20 opened, the air inside is ventilated; so the radon  
21 gas doesn't get accumulated; so we don't really have  
22 the radon problem generally speaking in California.  
23 There's some radon problems. I'd really refer to  
24 Mr. Dave Quinton. If you want to know the details,  
25 you can have him talk about it. But that's my

1 understanding of the radon problem, if it's a problem  
2 in California.

3 As Paul said, it's more of a problem in  
4 Pennsylvania, Colorado, and some states that tend to  
5 have more of those uranium series in the ground.  
6 They tend to have that -- there is an NCRP, National  
7 Council of Radiation <sup>Protection</sup> ~~Potassium~~ measurement that you  
8 can go for, I believe, there's a phone number -- 92  
9 or 91. If you can go to a library, and you can get  
10 some background information on the radon issue. It  
11 changes with season. It changes with moisture. It  
12 changes with your ventilation in your house. It  
13 changes with altitude too. Also depending on the  
14 location, where your house is located. Depending on  
15 whether it's located where it is full of uranium  
16 series.

17 MR. BALDENWEG: Like Steve was saying, I don't  
18 consider -- I personally don't consider it a big  
19 issue in California, but if you have an enclosed  
20 environment and it gets really cold like Pennsylvania  
21 or something, you close in the radon product. They  
22 don't get out. It becomes a hazard for that  
23 individual intake, internal hazard. Are they going  
24 to die? There's all kinds of studies to show what  
25 kind of a real problem it is. The corrective <sup>measure</sup> ~~major~~

1 for a house that's confined, they design a filtering  
2 system -- I'm sorry -- a venting system; so as long  
3 as you get the radon out of there, that's the big  
4 thing. Once you get the radon out of there, it helps  
5 minimize your exposure, but it's not a big issue in  
6 California.

7           Pretty much -- what I got was a lot of  
8 check sources, a lot of things here. We can talk --  
9 I'll talk a little more about the instruments. If  
10 you go to about to the third or fourth page, it talks  
11 about instrumentation here. We commonly -- DHS  
12 commonly uses every one of these pieces of  
13 instrument. Some more often than others, but these  
14 are standard. In my trunk alone, I carry four of  
15 these instruments. This right here is an emergency  
16 kit. It carries my alpha pro. If Del and I out of  
17 our office get called out on an emergency response --  
18 the most serious new one, recent one, was in Orange  
19 County. They closed down 5 Freeway down to the  
20 Orange Crush, where the 22, the 5, and the 57 meet,  
21 come together. There was a transporter of  
22 radioactive materials. Actually it was pretty  
23 benign, crashed and closed down the whole freeway.  
24 This is one of the things we take with us. It's got  
25 all of the instruments. Everything is ready to go

1 and all kinds of things, and it's got the alpha pro.  
2 We don't commonly have these in the trunk of our car.  
3 Anyway, so we're all ready to go. But a lot of these  
4 instruments, we already have in our car, and we're  
5 ready to go.

6 I'm just showing you a couple other  
7 bizarre little things. This is another. This is  
8 Steve <sup>Hsu's</sup> ~~Shu's~~ alpha. Remember in your report you see  
9 it. It says 100 square centimeters. This is  
10 100 square centimeters here. Whatever you see is  
11 your per hundred square centimeters. Mine is 50; so  
12 whatever I see, I have to double it mathematically.  
13 So alpha -- most commonly they come in 50 and 100.  
14 Sometimes you see a 25.

15 (Inaudible discussion held.)

16 MR. BALDENWEG: Both of these are. And so  
17 this is one. What else was I going to say? This  
18 probably we wouldn't use too often. I'm getting a  
19 little off on a tangent here.

20 This is what's called an MCA,  
21 multi-channel analyzer. If we get called out on an  
22 emergency and it's unknown and we don't know what  
23 that nuclei is, hopefully it's a gamma <sup>emitter</sup> ~~meter~~ because  
24 commercially most radioactive material that's  
25 manufactured of gamma <sup>emitters</sup> ~~meters~~ -- because they're used

1 in medicine, research other than beta <sup>emitters</sup> ~~meters~~. So if  
2 all gamma emitters have what's called a footprint or  
3 fingerprint, they all have a specific energy; so we  
4 can identify that gamma emitter by it's energy, and  
5 how do we do that? We do that with a multi-channel  
6 analyzer. Del and I use that maybe not often. Maybe  
7 once every six months, for unknowns, we go through  
8 the whole process, and we've gotten pretty good at  
9 it. Some things like <sup>cesium</sup> ~~sesium~~ -- this is <sup>cesium</sup> ~~sesium~~ 137.  
10 It has a very distinct photon comes out at 662 KEV.  
11 We can see that on that thing real easy. Very  
12 common, very easy to see. Once we see it, we know.

13 Cobalt 60, very common nuclei. It's two  
14 energies coming out, 1132 and 1365 or something like  
15 that. You can just see those peaks come up. It has  
16 these peaks that come up. You see them, and you say  
17 that's cobalt. There's no question about it.

18 The uranium series and thorium series,  
19 those are a little rougher. Those are harder to  
20 analyze. There's a bunch of stuff that comes out; so  
21 it's hard. We'll spend hours trying figure out what  
22 they are. We're pretty good. This is hooked up to  
23 big sodium iodine crystal. This is a big gamma  
24 detector, two by two. Very expensive too. This  
25 instrument is pretty expensive. This doesn't travel

1 with us. We only take that -- I'll give you an  
2 example. We get a land fill that goes off their  
3 alarms. Their alarms usually will detect on most  
4 gamma emitters. It's most likely a gamma emitter.  
5 They say, hey, Paul, we've got a truck. We don't  
6 know what it is. They'll set it to the side, and  
7 either Del or I will come out and take the MTA with  
8 us and do an analysis and figure out what it is.  
9 Okay. Pretty much -- okay.

10 Now, Geiger meter. If you go on the  
11 sheet, good for contamination. It's go, go, go.  
12 It's very energy dependent. Whatever it's calibrated  
13 for, it's very efficient for that, but it's not  
14 efficient for other energies all the time unless you  
15 calibrate it to that energy. They're very sensitive.  
16 They can see small quantities of contamination, very  
17 sensitive. This is very sensitive whereas the ion  
18 chamber is not as sensitive. You don't go looking  
19 for contamination with this one at all. You go  
20 looking for it with a Geiger meter. The ion chamber  
21 is a true roentgen. I talked about that. If you  
22 want to measure what an outside exposure -- if you're  
23 at an x-ray facility and there's legal limitations,  
24 you cannot have two millir<sup>e</sup>/m (phonetic) in any one ←  
25 hour beyond any occupied area. We will take this



1 meter. If we see three MR per hour, then they're  
2 exceeding the legal limit. They'll have -- either  
3 they'll have to change the configuration of their  
4 x-ray machine, or they'll have to add additional  
5 lead. And we'll cite them on that. That's very  
6 typical what we do with that.

7 UNIDENTIFIED SPEAKER: How often do you  
8 investigate x-rays?

9 MR. BALDENWEG: All the time. In the State of  
10 California, we have this whole process. We have this  
11 whole priority system depending what kind of  
12 specialty the person is. It's either a hospital,  
13 high priority, or chiropractor to medium priority  
14 which would be like an internal medicine doctor,  
15 general practitioner. That's medium priority.  
16 That's every 4.25 years, and then we have 5 years.

17 If we get any complaint in, we go out.  
18 We go -- we go on every complaint there is. There  
19 isn't that many. But a guy could be in one office  
20 and he says, hey, this doctor has an x-ray machine.  
21 I'm worried about my secretary getting exposed, and  
22 we'll go out and measure and determine.

23 (Inaudible discussion held.)

24 MR. BALDENWEG: On complaints or routine  
25 inspections? We cite a lot of things. There's a lot

1 of rules, and if they don't have caution, radiation  
2 area or caution, x-ray machine or something like  
3 that, little minor violations. We get these all the  
4 time. They don't have title 17 withdrawal ?  
5 regulations, we cite them, minor. It's not very  
6 often we find a lot of major stuff. We also have the  
7 ability to go through Ed Bailey, our chief, and  
8 what's called emergency order, cease and desist.  
9 He's the only one that can sign it, but we as  
10 inspectors can do an immediate verbal cease and  
11 desist, if it's causing public harm. If we walk in  
12 and we say there's no timer on this x-ray machine,  
13 there's just hand timing it, and they're going one  
14 thousand one, one thousand two, it's absolutely  
15 illegal. We would tell them, hey, you can't do that.  
16 We'll cease and desist immediately. They're not  
17 allowed to do that.

18 UNIDENTIFIED SPEAKER: I'm not sure I  
19 understand. High priority one, how often do you get  
20 out?

21 MR. BALDENWEG: High priority is every three  
22 years on x-ray machine. It's all by law.

23 UNIDENTIFIED SPEAKER: Lowest priority is --

24 MR. BALDENWEG: 5.24 years. Actually it was  
25 our -- our office. We used to do dental. We'd send

1       them out by survey. I'm getting way off track.

2                               (Inaudible discussion held.)

3               MR. BALDENWEG: We send them on a piece of  
4 cardboard, TLD chip, same thing we use the film as,  
5 and we tell him to expose it like you do a typical  
6 bite, when you're biting, what you do twice a year,  
7 send it back. We evaluate it, and if it doesn't fall  
8 within the range, we send an inspector out. I never  
9 liked the system. It's kind of fallen through the  
10 cracks. We weren't getting the contract to get the  
11 TLD's; so our office says why don't he we do this  
12 routinely, and we went up to Ed Bailey and asked him  
13 do you mind if you go out and do routine inspections,  
14 and he said I don't care. Go do it. So our office  
15 is actually almost caught up on all its dentals. I  
16 cover Santa Barbara, Ventura, Los Angeles for state  
17 facilities, Kern, and San Bernardino and King. We  
18 have thousands of tubes in our inspections. Normal  
19 deal is 30 or 40 x-ray tubes per month is a good  
20 average. The guy did 70 last month. These guys are  
21 knocking them off. Really inside is really  
22 important. We're going to bring all those 5.24  
23 years, we're going to bring all them up in the next  
24 six months, something like that. We'll have them all  
25 in our areas completely inspected.

1 UNIDENTIFIED SPEAKER: Which ones are you  
2 considering high priority?

3 MR. BALDENWEG: Hospitals, chiropractors,  
4 medical clinics, orthopedic surgeons. Orthopedics  
5 because of the volume. They do 20 or 30 patients a  
6 day. Have you ever been in an orthopedic office?  
7 When they're doing x-rays that day, it's boom, boom,  
8 boom, boom, boom. Cut the cast, treat the patient,  
9 put the cast back on, and sometimes they shoot again.  
10 Chiropractors, it used to be because it was a 14 by  
11 36, full length film. That's changed. They very  
12 rarely use that. Hospitals obviously they do a high  
13 volume of x-rays. That's the reason why. If anybody  
14 has therapy, high priority. Mammography and Inc.  
15 U.S.A. -- that's every year, period, flat out, done.  
16 It's a whole federal and state policy. It's very  
17 intricate.

18 UNIDENTIFIED SPEAKER: It's more than every few  
19 years.

20 MR. BALDENWEG: Oh, yes. Inc. U.S.A. follows  
21 a one year, one year. I'm sorry if I mislead you.

22 Radioactive materials is a little  
23 different now. We have high priority.

24 <sup>Tom Kelly</sup>  
~~UNIDENTIFIED SPEAKER:~~ Maybe show like some of  
25 the survey speeds that you survey the area.

1           MR. BALDENWEG: Sorry about that. I got way  
2 off track. You were enjoying that more than the --  
3 one more real quick, even though he's the  
4 facilitator. Radio material, we also follow a very  
5 specific guideline, a priority. We have one, two,  
6 and three priority. Actually we have four and five.

7           UNIDENTIFIED SPEAKER: The licensees?

8           MR. BALDENWEG: The licensees themselves, very  
9 distinct. Radiographers, industrial radiographers,  
10 are out there with those high source -- reading 192  
11 sources. Those guys are once every year. We'll go  
12 unannounced to the field and actually watch the guys  
13 hopefully without them seeing us. I carry binoculars  
14 in my car just to watch these guys.

15           Now, inspection procedures, if I'm  
16 looking for an alpha source, I'm talking about how  
17 close I have to be. I use my thumb. I don't want to  
18 puncture my membrane. I don't want to pay \$2-, \$300;  
19 so I keep fairly close to the surface, running at  
20 surface speed. I may not hear that. So I maintain  
21 about every couple inches. You watch. Watch them  
22 pick it up. Go by it. I'll come back to any spot I  
23 hear to verify it, and without them, I'm looking for  
24 contamination. I'll mark it right there, and I'll go  
25 back and do -- put it on a slope, a mode here, and do

1 a complete count on it and get a real accurate  
2 reading. Again one other thing I want to do --

3 (Inaudible discussion held.)

4 MR. BALDENWEG: I'm very careful. If this was  
5 removable versus fixed contamination, I want to be  
6 very careful. I don't want to set my probe right on  
7 top of it. If I contaminate my probe, I'm going to  
8 have totally clean this. So I try not to contaminate  
9 my probe. Obviously I can't cover this up, but if I  
10 put tape on this -- you've just got to be very  
11 careful. In the real world, I just stay close to it  
12 and do the best I can.

13 Now, another thing I do too, you notice  
14 I wasn't looking at my analog meter? Analog is  
15 dependent on response time. I may not see this. I  
16 may have the audible off. I may not see my meter go  
17 off. Audible on all survey instruments is  
18 instantaneous. If I get one interaction with the  
19 meter, I'm going to hear it. If I get 20 of them,  
20 I'm going to hear all 20 of them. But I always have  
21 my instrument on, have the audible on. I will  
22 listen. Then I will start panning. Okay.

23 Now, there could be two guys surveying  
24 this building. If we've got the same instrument and  
25 we're doing audible and nobody's got earphones on, I

1 will have him get on the other side of the room. I  
2 don't want to hear his chirps. I only want to only  
3 hear my chirps. I survey with one of Steve's people  
4 quite often. It turns out he's got a different brand  
5 name instrument. It has a different sound to it; so  
6 it doesn't bother me. Mine's much higher pitch; so  
7 he doesn't bother me if he's right next to me. I'm  
8 very aware of mine. Okay. What else did we want to  
9 cover?

10 UNIDENTIFIED SPEAKER: Talk about special  
11 frequencies.

12 MR. BALDENWEG: There's only a few facilities  
13 that are in-house. In fact, only like, for instance,  
14 has in-house -- two of them, in fact -- isn't it  
15 two -- in-house every day.

16 (Inaudible discussion held.)

17 MR. BALDENWEG: We have no luxury whatsoever  
18 to do that whatsoever. <sup>(full time DHS staff person located at Roche</sup> We let them. They do their <sup>Dyne</sup>  
19 report to us first. I get a copy. Steve <sup>Hsu</sup> ~~Shu~~ gets a  
20 copy. Licensing gets a copy. It's reviewed. That's  
21 just the plan. We say yea or nay to the plan. They  
22 say yea. They start doing -- their people are on the  
23 license or a part of their broad scope license only  
24 because when we reviewed the credentials, we believe  
25 they have a professional credential to meet. They do

1 that on their own. They come back with their final  
2 plans -- final results and say, hey, we don't have  
3 any contamination. We found this and this and this.  
4 They come out and do confirmation survey, third  
5 party. Then we come out after we've read the total  
6 report, new confirmation. Okay. Does that make  
7 sense? There's no way we could ever afford to have  
8 someone on site. Rocketdyn<sup>e</sup> is on a download; so  
9 there's a lot of D&D going on, but it's still not as  
10 often. We could never have a person on site all the  
11 time. There would be no need. They'd be sitting  
12 around twiddling their thumbs. I know you were  
13 laughing because of ~~Mollicore~~<sup>Molycorp</sup>. That's the big issue  
14 right now.

15 UNIDENTIFIED SPEAKER: Whether or not it's  
16 actually a waste or --

17 MR. BALDENWEG: Well, I'm not going to get  
18 into that part. There's a lot of controversy. What  
19 happened is they have an evaporation problem. They  
20 were what's called pigging. Steve is more familiar  
21 with. What happened is their pipe burst in seven  
22 locations. The controversial part is this NORM or  
23 source material -- we're going to -- what I'm getting  
24 at, we are one of the agencies that's overseeing in  
25 the clean up of that, but there's no way we could



1 afford to have somebody there all the time while  
2 we're doing it. We approve their plan and the  
3 procedures and the credentials of their people. Now,  
4 we'll come back to this. There's just no way.

5           Removable: Now, there's two basically  
6 types of contamination. We have fixed and removable,  
7 and it has different standards depending on if it's  
8 alpha, beta, or gamma emitter. Removable -- fixed is  
9 fixed. It could be like concrete. If you take a  
10 liquid radioactive material and you put it on  
11 concrete, concrete is very absorbent. Once you get  
12 in concrete, it's all kinds of trouble to get it out.  
13 It's hard to get out. It's not easy. You can't  
14 remove it very easy, but you can have other things  
15 that are removable.

16           Removable is a little more dangerous  
17 obviously. If you remove it and put it in your  
18 pocket and you walk away, you can contaminate your  
19 family or yourself. So the restrictions on removable  
20 are a little higher than on fixed. It makes sense.  
21 We will do the fixed by measuring the fixed. We do a  
22 count, and then we'll do a wipe of that spot, and  
23 what the standard is it's 100 <sup>(Square centimeters)</sup> CM, moderate pressure. ✓  
24 They're wipes, and I keep them in my car for  
25 emergencies too. They're little disks. There's two

1 different kinds. One's for gamma emitters. If we  
2 know we have a gamma emitter, we look at our gamma  
3 emitter. It's a little courser, a little rougher.  
4 We estimate for 100 CM. Four inches by four inches  
5 is standard. We send it off to our lab, and they  
6 analyze it for removable contamination. We already  
7 know what the nuclei is. We tell the lab what it  
8 is, what we think it is, and they analyze it, and  
9 they use special kinds of anodine.

10 If it's something like a beta emitter,  
11 you only can detect -- to truly detect a beta  
12 emitter, I wouldn't use a heavy source piece of  
13 material and try to pick it up. Maybe use a  
14 dissolvable membrane. I'm real careful. I keep it  
15 in my car, do that wipe. I send it off, and they  
16 measure it and tell me what the DPM is for the  
17 removable wipe.

18 Now, with Rocketdyn<sup>e</sup>, I'm going to blow  
19 their horn. If they notify -- if there's something  
20 they find that's contaminated and it may not exceed  
21 the releasable limit. I've never had any problem  
22 with Rocketdyn<sup>e</sup> going -- they have no problem with  
23 that. They've always brought everything almost --  
24 if I have 20 DPM's of removable and I'm seeing -- and  
25 I do all my calculations and I'm seeing 10 DPM's,

1 disintegrations per minute, they take out. Jim  
2 Barnes, just get rid of that, and he'll have it  
3 checked out or whatever. So it's been a good setup.

4 Does anybody have any questions?

5 There's a lot of common things here. When we do come  
6 up and do this, Conrad does his presentation, I would  
7 appreciate it if you have one of the ~~telephysicists~~ <sup>Health physicists</sup>  
8 work with you on that, tell you what the difference  
9 between the different emitters are. We can work with  
10 you on it. You're welcome to use it, but be real  
11 careful with the alpha.

12 (Inaudible discussion held.)

13 MR. BALDENWEG: Different for different  
14 emitters. Alpha versus beta, gamma.

15 UNIDENTIFIED SPEAKER: My question was how do  
16 you know for those, alpha emitters?

17 MR. BALDENWEG: How do I know which ones are  
18 which? Because you have a history of that building's  
19 use, and it's in their report. They'll have --  
20 commonly they'll have like a paragraph that says  
21 building whatever -- building one had ~~potonium~~ <sup>plutonium</sup> 239;  
22 so we know what to use in that case. That's part of  
23 where -- or they'll have a -- eventually they'll have  
24 their calibration removed. They only have ~~sesium~~ <sup>cesium</sup>  
25 137. We know that's a gamma meter. !

1 UNIDENTIFIED SPEAKER: Is there a problem -- is  
2 there a problem -- what happens if you're not sure  
3 what was used? For example --

4 (Inaudible discussion held.)

5 MR. BALDENWEG: If we had a problem, we'd take  
6 the most restrictive one, most conservative. In  
7 fact, the -- kind of along those lines. They say if  
8 you have two nuclei, you shall use the most  
9 conservative. That's what our guy does.

10 UNIDENTIFIED SPEAKER: DHS regulations, I  
11 assume, you're not going by the DOE order? Do you  
12 have your own regulations?

13 MR. BALDENWEG: Our release are equivalent  
14 to -- they're almost identical.

15 UNIDENTIFIED SPEAKER: If I may --

16 MR. BALDENWEG: Sure.

17 (Inaudible discussion held.)

18 MR. BALDENWEG: Keeping in mind now, though,  
19 when they do analysis alpha or gamma spec, now, this  
20 is all done in a lab, very sophisticated lab. They  
21 are not field instruments, and geometry is very  
22 sensitive. Other things, high purity, geranium  
23 crystals, a lot of expensive things that you cannot  
24 use out there in the field for obvious reasons. In  
25 fact, this is probably the most expensive instrument

1 you take out into the field. This is pretty  
2 sensitive. Again it's two by two inch. This is a  
3 very expensive instrument. Just like that --

4 UNIDENTIFIED SPEAKER: Sounds like you're  
5 really on top of the situation up there at the  
6 present time. How long have you been doing it?

7 MR. BALDENWEG: Well, I guess ever since 1962.  
8 I mean keep in mind, when they established a license  
9 with us, they weren't doing D&D for the first --  
10 what? Phil will have to give you the history. You  
11 don't start doing D&D until you're done with  
12 projects. You could start a project in the certain  
13 building and do a D&D five years down the line, but  
14 the major D&D is only currently now in the last five  
15 years.

16 UNIDENTIFIED SPEAKER: You're telling me that  
17 when they had the radioactive melt downs, you allowed  
18 them to go on knowing full well the contamination  
19 taking place at Rocketdyn<sup>e</sup><sub>R</sub>

20 MR. BALDENWEG: I'm not familiar with it. I'm  
21 personally not familiar.

22 UNIDENTIFIED SPEAKER: You're not familiar? I  
23 think you ought to read the records.

24 (Inaudible discussion held.)

25 UNIDENTIFIED SPEAKER: I'm not familiar with

1 it. I'm sure this was in the AC time.

2 MR. BALDENWEG: Prior to 1962?

3 UNIDENTIFIED SPEAKER: 1959.

4 (Inaudible discussion held.)

5 MR. BALDENWEG: I'm sure there's facilities  
6 that have had ~~access~~ <sup>accidents</sup> in the past that I'm not  
7 familiar that I regulated -- well, that the office  
8 that I work in regulated all the time. I'm sure  
9 there is. Absolutely. I don't want to presume I  
10 know everything in the past history. Why do we let  
11 them continue on? I have a facility right now that  
12 has americium contamination on something they weren't  
13 allowed to do. Once we get this all remediated, it's  
14 not a big issue -- I mean it's a big issue, but it's  
15 not something that's going to cause people on the  
16 outside any harm. Once we remediate the immediate  
17 health problems, we're going to go after the big guy,  
18 but we want to make sure we get rid of the health  
19 hazard right now, first. We're not worried about the  
20 compliance issue. I'm current since 1980, but I  
21 don't know what happened prior to that. There's a  
22 lot of people who aren't going to know exactly --

23 MR. KELLY: Some of what you're covering here  
24 is specific buildings, and they were licensed by the  
25 Department of Health Services, and they're verifying

1 that they're cleaning up the release. They're  
2 talking about other work and trying to survey other  
3 areas because they found contamination where they  
4 didn't think they were going to find it. There have  
5 been some of these studies. We had some problems  
6 with those studies, and we're still working that  
7 stuff out, and DHS also requires a final survey of  
8 the area before they will eventually release the  
9 entire site from their license. So there are  
10 activities where they're looking in broad areas for  
11 contamination. I guess, Paul -- I've read the one  
12 study on building 59, famous building that had the  
13 reactive problem. Somewhat familiar with it. Here  
14 we're covering a little bit more about the buildings  
15 that are being done and also some of these are based  
16 on soil, but there's other methods as well.  
17 Laboratory analysis as Paul mentioned.

18 MS. SEMONES: We're trying to get your  
19 question, and then this gentleman right here.

20 UNIDENTIFIED SPEAKER: I notice you have some  
21 fertilizer. Whether radioactive materials was used  
22 as fertilizer -- radioactive waste was used?

23 MR. BALDENWEG: Purposely they were using  
24 radioactive waste?

25 UNIDENTIFIED SPEAKER: Yes.

1 UNIDENTIFIED SPEAKER: Explain this.

2 MR. BALDENWEG: It is naturally accruing.

3 It's not waste. It's naturally accruing like  
4 mithorium and mantle. This is potassium, and you've  
5 got phosphorus. That's just natural phosphorus which  
6 is radioactive.

7 MR. SHU: Uranium also exists in the phosphate  
8 mines. Uranium comes with it. So what you see here,  
9 I believe, mostly it's uranium.

10 MR. BALDENWEG: Isn't it like they --

11 UNIDENTIFIED SPEAKER: Radioactivity wastes,  
12 one of the purposes of -- not that it came -- not  
13 that it came as part of the product, but it was --

14 UNIDENTIFIED SPEAKER: There was an article in  
15 the L.A. Times about how fertilizer is not regulated,  
16 and they found --

17 MR. KELLY: That's actually lead.

18 UNIDENTIFIED SPEAKER: They said it's low level  
19 waste, and they were dumping it in fertilizer, and it  
20 was regulated going in, but not coming out because  
21 fertilizer doesn't have any recognitions.

22 MR. KELLY: And that's true, and people still  
23 are being -- applying fertilizer, and unfortunately  
24 EPA doesn't have any regulations. I believe the  
25 major problem is lead, but they don't have any



1 regulations.

2 UNIDENTIFIED SPEAKER: Low level waste.

3 MR. KELLY: I've heard the problem before of  
4 lead.

5 MR. BALDENWEG: I'm not familiar with that.

6 UNIDENTIFIED SPEAKER: Confirmation survey,  
7 what does that entail? Rocketdyn<sup>e</sup>, major plan,  
8 approved it. They've done their survey, and you say  
9 you have confirmation survey. What does that entail?

10 MR. BALDENWEG: Well, we actually go in  
11 usually with a team of people, literally -- pardon  
12 me?

13 UNIDENTIFIED SPEAKER: Do you physically go  
14 through?

15 MR. BALDENWEG: Yes, with instrumentation and  
16 do wipes, and we map it. We map it. We indicate on  
17 the map where those wipes were taken, and we can do  
18 DPM. The measurements could be released on DPM,  
19 disintegration per minute. That's all done by us.  
20 We do soil samples and water samples. We send them  
21 off to a lab. Those are all quantified and analyzed,  
22 and they have to meet the release limits prior to.

23 Keeping in mind, emissions and other  
24 previous actual meetings are not in workshops. We  
25 have certain standards of what we're supposed to

1 measure and what we're supposed to do and grid this  
2 and grid that. If I walk in and we used to have some  
3 kind of normal form radioactive material, nonsealed  
4 source, normal form, if I see an exhaust vent and  
5 it's 15 feet up there, if I suspect there might be  
6 contamination, it's my professional judgment, I will  
7 ask Bill or whoever is with me to give me a ladder,  
8 and I'll go up and do a sample. I'll do a physical  
9 measurement, and a lot of times I'll do a wipe. I  
10 always do -- we almost always do a wipe with a  
11 physical, but if you're only reading background, very  
12 rarely will you get a positive wipe, but we still do  
13 it. We certainly get a positive reading, and we  
14 always do a wipe.

15 We look for the strangest thing. I  
16 don't remember where -- we had a furnace or  
17 something, and it had ash, some residual from the  
18 furnace. I took a big old sample of that. So I'm  
19 just thinking I'll lift up where there's possibly a  
20 water drain, and there's a grid. I'll lift up the  
21 grid and I'll go down and take any kind of junk down  
22 in there and take and send it where I think there  
23 possibly could be contamination. That's part of our  
24 professional judgment. We don't always fix ourselves  
25 to exact parameters. We go beyond those parameters a

1 lot of times because we're just not comfortable with  
2 the situation. That's just our job. That's how our  
3 minds work sometimes. We're actually out there  
4 trying to find something. It's boring getting all  
5 background. It's absolutely boring. It's amazing.  
6 We'll be out there, and Steve knows if you're  
7 measuring hour after hour of the same stuff, it  
8 drives you nuts. When you get a positive, you know,  
9 it's like we're all spread out, four guys out there  
10 doing this whole room. We find a positive thing, and  
11 these four guys go (indicating <sup>coming together</sup>). We're all trying to  
12 figure out what it is or what we're doing. It's fun  
13 to find a positive. We want to find a positive.

14 UNIDENTIFIED SPEAKER: I'm glad to hear you go  
15 beyond. When you're looking for a history of the  
16 building and you go in and do a confirmation survey  
17 to confirm that the positive you may have found --

18 MR. BALDENWEG: Oh, yeah.

19 UNIDENTIFIED SPEAKER: Do you ever go and look  
20 at things that maybe weren't in the history of that  
21 building such as -- wasn't necessarily noted that it  
22 was -- do you ever go and do (x-rays)?<sup>?</sup>

23 MR. BALDENWEG: Sometimes we do, but you've  
24 got to keep in mind now, I guess sometimes we just  
25 don't have -- go ahead, Steve. You finish it.

1 MR. SHU: When we take wipes, we can comment  
2 for alpha, alpha phosphate, and run this through  
3 gamma. So we have an idea how much there is. That  
4 will cover the whole spectrum of radiation types.

5 If it shows up, then we have reason to  
6 go in to do an alpha spec. If there is a gamma  
7 meter, there is a significant amount that may be  
8 quantified, then we would be -- identify and quantify  
9 during the gamma spec analysis because there will be  
10 a peak. If the peak is strong enough, you know, that  
11 can be quantified with good assurance that the peak  
12 is real, then somewhere in analyzing the result would  
13 be able to calculate it out and provide a  
14 quantitative number; so if you're saying if we have  
15 alpha, alpha phosphate plus gamma spec, that  
16 particular wipe will give us a great deal of  
17 information about all different types of radiation,  
18 contamination might have been at that spot.

19 UNIDENTIFIED SPEAKER: If you suspect --

20 MR. BALDENWEG: Not every time. If we  
21 suspect, we'll follow the suspicion. We'll always  
22 look for something else. If we don't suspect  
23 anything, there's no reason why they would have had  
24 anything, we do not have the luxury of time, to be  
25 honest with you, to look for everything on every

1 building and every spot. If we suspect it all, in  
2 our lab form -- I don't have one with me. In our lab  
3 form, we can do all kinds of things in the lab form.  
4 The lady who runs it up there, Carolyn Long, she runs  
5 it up there. In fact, if I have a question myself, I  
6 call her before I sent the sample. Hey, Carolyn,  
7 what can you do for me? How do you want me to do  
8 this sample? I'm suspecting they might have this and  
9 this and this. She says, Paul, why don't you mark on  
10 this. Write me a note. We keep in touch with them;  
11 so we're kind of on it. We're definitely on it.  
12 Pretty scientific. Steve brought up a good point.  
13 She can run a lot more on analysis than we can.  
14 She'll come back and tell us.

15 UNIDENTIFIED SPEAKER: You talk a lot of about  
16 surveying.

17 (Inaudible discussion held.)

18 MR. KELLY: There's a variety of monitoring  
19 going on. Rocketdyn<sup>e</sup><sub>A</sub> has done studies looking for off-  
20 site contamination, and they found some low level  
21 stuff immediately north of the area where ~~radiation nuclear~~ <sup>facilities were.</sup> nuclear  
22 ~~was~~ That was by and large within a couple hundred  
23 yards. Through DHS they also have some ongoing  
24 monitoring that they do, but they're also talking  
25 about a facility that hasn't handled their operation

1 since the late 80's; so they're not -- at this point  
2 their work is <sup>cleanup</sup> ~~cleaned up~~. So we make it possible to  
3 see the results of something that happened. It  
4 should be pretty striking to see the current  
5 relations.

6 (Inaudible discussion held.)

7 MR. KELLY: He was just mentioning that a lot  
8 of trucks are leaving the site or might be scheduled  
9 in the future to leave the site.

10 (Inaudible discussion held.)

11 UNIDENTIFIED SPEAKER: We're talking about  
12 major contamination sites in the United States. This  
13 is one of them, and then talking about hauling off  
14 this stuff on the roads. God, help me if I'm driving  
15 by.

16 (Inaudible discussion held.)

17 MR. BALDENWEG: It's very highly regulated,  
18 and there's a lot more medical and industrial stuff  
19 going around on public streets and highways than  
20 you're ever going to get -- his volume may be larger  
21 in one single truck, but you've got with -- these are  
22 highly regulated. You've got medical people that are  
23 delivering -- good example, a radio pharmacy  
24 delivering radioactive nuclei to medical labs all  
25 over. There's one in Van Nuys. One in Colton. One

1 in Bakersfield. These -- they have ten vehicles,  
2 Ford Escorts. These guys are delivering radioactive  
3 material stuff, going on all the time.

4 UNIDENTIFIED SPEAKER: That doesn't make it  
5 right.

6 MR. BALDENWEG: Do you want to stop nuclear  
7 medicine? I don't know what you're saying.

8 (Inaudible discussion held.)

9 MR. BALDENWEG: You're going to always have  
10 situations where you will have an accident. With the  
11 numbers going up, there's thousands across the  
12 nation. You're going to get a small percentage of  
13 accidents, and very rarely -- I've been in the last  
14 six or seven years -- Southern California has most of  
15 the industry. We have most of the medical. Most of  
16 the money is made in Southern California for  
17 everything. We have most of the accidents down here.  
18 I've never been involved with -- and I've been in  
19 major what they thought was contamination. We've had  
20 accidents where the actual thing hit head on and all  
21 of the stuff that was -- almost everything in the  
22 back of the pickup truck was out on the freeway. We  
23 didn't have contaminations.

24 MS. SEMONES: Aren't there regulations for  
25 trucking?

1 MR. BALDENWEG: Absolutely. DOT regulations  
2 are very sophisticated and very difficult. They have  
3 to be shipped in a certain way, depending on their  
4 form. It has to be fixed or unsealed or very  
5 highly --

6 (Inaudible discussion held.)

7 MR. BALDENWEG: Actually scrap metal guys --  
8 they're putting all kinds of sophisticated monitors.  
9 Pipe with NORM in it is not getting through at all.

10 UNIDENTIFIED SPEAKER: But does EPA --

11 MR. BALDENWEG: It's not EPA. NORM is NORM.  
12 It's not regulated in California right now at all; so  
13 we really don't have any oversight on the NORM, but  
14 NORM pipe will not be allowed to go through -- let me  
15 finish. A lot of the stuff that's setting off alarms  
16 at the metal recycles down at the port is NORM  
17 contaminated pipe. Probably 40 percent of it. We  
18 still recommend they dispose at a normal waste. We  
19 can't have no oversight on it.

20 (Inaudible discussion held.)

21 MR. BALDENWEG: I tell you what, we need to  
22 defer this over to the next group. This is a  
23 workshop. ~~This is an workshop.~~ We're getting too  
24 tunnel vision on this.

25 (Inaudible discussion held.)



1 MR. BALDENWEG: Why don't we move on.

2 MS. SEMONES: I think the specific question  
3 about this, I think we can get that after this  
4 discussion.

5 (Inaudible discussion held.)

6 UNIDENTIFIED SPEAKER: When the trucks come  
7 down, do they have a sticker on them? I've seen them  
8 on the highway. You can see the nuclear thing. Do  
9 they have them?

10 MR. BALDENWEG: Not necessarily.

11 UNIDENTIFIED SPEAKER: When they're taking --

12 MR. BALDENWEG: That's part of DOT laws.

13 UNIDENTIFIED SPEAKER: They don't always have  
14 them?

15 MR. BALDENWEG: Not always. It depends on the  
16 law, what the rule is, the levels, the type of  
17 radioactive material being shipped.

18 UNIDENTIFIED SPEAKER: The regulations are  
19 extremely complicated.

20 MR. BALDENWEG: They're very complicated.

21 (Inaudible discussion held.)

22 MR. BALDENWEG: Also exposure rate. Exposure  
23 rate, if you exceed a certain limit, there's all  
24 kinds of additional rules it has to go through. Most  
25 medical is not. The only thing in medical is what's

1 called a tech 99 generator. Radium 192 sources, come  
2 in. They're usually shipped in by FedEx to  
3 radiography companies. A lot of times those exceed  
4 the bar two. It goes to bar three. Those are very  
5 few, less than five percent. It doesn't have to  
6 be -- there's still all kinds of rules.

7 UNIDENTIFIED SPEAKER: I just wonder because I  
8 see. I'm just curious.

9 MR. BALDENWEG: One of the most important  
10 rules, we have to have a manifest, a bill of lading.  
11 There's specific rules where that bill of lading has  
12 to be. We cite them if they don't have it. It has  
13 to be in the left hand door pocket. If the driver  
14 leaves, he puts it on the seat where he sits and goes  
15 and gets a cup of coffee. So if there's an  
16 accident -- the first thing Del and I ask for -- they  
17 had that big deal down in Orange County, we want to  
18 see the bill of lading. We want to know what's in  
19 that load; so then we can apply the proper  
20 inspection.

21 (Inaudible discussion held.)

22 MR. BALDENWEG: As an example, along those  
23 lines, TI is transport index. It's part of a  
24 labeling. If the TI says it shall be less than 1,  
25 1.0, MR per hour at 1 meter, which is the standard,

1 all of a sudden it's 7 -- Phil's group, professional  
2 group, should know there might be something wrong.  
3 That's when he starts taking precautions. It becomes  
4 a normal source. And he looks to see on the package  
5 if there's any moisture on it. Then they take  
6 special precautions, and there's always rules you  
7 have to follow before you even open that. All kinds  
8 of rules. Very complicated.

9 (Inaudible discussion held.)

10 UNIDENTIFIED SPEAKER: Given a building, let's  
11 say building, approximately what fraction of the  
12 inside of that building would we have wiped down on  
13 your testing?

14 MR. SHU: First, as we said earlier, we can  
15 yield other reports prepared either by Rocketdyn<sup>o</sup>  
16 Okay. In order to answer your question directly, I  
17 have to say that in the beginning, we take 10  
18 percent. We have to do 10 percent of what they do.

19 UNIDENTIFIED SPEAKER: 10 percent of what they  
20 do, or 10 percent of the inside area of the building?

21 MR. SHU: Depending on affected --  
22 non-affected. We usually scan 100 percent of  
23 affected area, but non-impacted area, we really do  
24 spot checks. Then if it's floor, it's easier. You  
25 just try to cover it 100 percent, as I said. If it's

1 wall, it is very high. I don't recall exact height.  
2 We try to cover -- as long as it's easily assessable,  
3 we try to cover as much as we can. If it's really  
4 above, we start spot checking. There is no way --  
5 our role is to bird's eye that they do a good job in  
6 meeting the requirements. If we're going to do the  
7 same whole complete survey, then they may as well not  
8 do it. Our role is to -- it's not to actually  
9 perform a complete survey. That would be really  
10 difficult, and it would be really expensive.

11 UNIDENTIFIED SPEAKER: I'm just wondering about  
12 what fraction of the inside you actually survey.

13 UNIDENTIFIED SPEAKER: When you said 10  
14 percent, is it 10 percent as many wipes --

15 MR. ~~SHU~~<sup>Hsu</sup> Say Rocketdyn<sup>e</sup> does 200 for this  
16 area.

17 UNIDENTIFIED SPEAKER: We're talking about  
18 wipes?

19 MR. SHU: Wipes. We'll go in and do 20.  
20 Sometimes we do extra if we have suspicion because  
21 the used location, because the drainage, because of  
22 vents, we have suspicion of where contamination  
23 usually occurred. Then we would take another wipe.

24 UNIDENTIFIED SPEAKER: When you say a wipe, is  
25 wipe a definition of a fixed -- one square foot or --

1                   MR. <sup>Hsu</sup>~~SHU~~: A wipe, 100 centimeters square.

2                   UNIDENTIFIED SPEAKER: And you select your wipe  
3 locations?

4                   UNIDENTIFIED SPEAKER: We will survey every  
5 square meter.

6                                   (Inaudible discussion held.)

7                   MR. BALDENWEG: That goes back to what I said  
8 earlier. If we go measuring, theoretically why do a  
9 wipe? We do a lot of times strictly to do it for  
10 verification. Sometimes if we're curious of some  
11 nuclei that we're not aware of or familiar with or  
12 something, then we might run it for some special type  
13 of test.

14                   UNIDENTIFIED SPEAKER: What happens, for  
15 example, the alpha emitter, if there's a new coat of  
16 paint in our room?

17                   MR. BALDENWEG: That definitely would be a  
18 problem. Absolutely. Absolutely.

19                   UNIDENTIFIED SPEAKER: You scrape the paint?

20                   MR. BALDENWEG: Yes. If we suspect it, we  
21 would do that. At least a tile or new tile would be  
22 the same thing too. If you suspect contamination and  
23 you have a tile, it's a typical one foot by one  
24 foot tile, linoleum tile, and you just put those on.  
25 Those are easy. We'll have them -- we'll just ask

1       them to be removed.

2                   UNIDENTIFIED SPEAKER:   That's a standard  
3       procedure.

4                               (Inaudible discussion held.)

5                   MS. SEMONES:   I was wondering if, in the  
6       interest of time, because we still have one more  
7       presentation, maybe not quite so long as Paul's, if  
8       we could go on with that, and if there are some  
9       lingering questions for Paul, we could go back to  
10      that.

11                   MR. BALDENWEG:   We'll go to Conrad, and he'll  
12      give his, and you all can come up here and ask  
13      specific questions.

14                   MS. SEMONES:   Let's have Conrad come up.

15                               Thank you very much, Paul.

16                   MR. BALDENWEG:   Thank you.


17                   MR. SHERMAN:   I'll try to be brief.   My name  
18      is Conrad Sherman.   I'm a certified health physicist.  
19      I work for Tetra Tech.   We used to be known as PRC.  
20      EPA asked us to provide technical support to them  
21      directly on health physics and radiation protection  
22      matters for this project.   What our preliminary role  
23      is going to be is to review for selected facilities  
24      that Tom asked us to review the original survey  
25      plans, the implementation of those surveys, to see

1 that the surveys met the original plans. Also going  
2 to look at ORISE's reports and ORISE comments on the  
3 Rocketdyn<sup>e</sup> work and see that Rocketdyn<sup>e</sup> responded  
4 appropriately to the ORISE comments. Also going to  
5 look at survey results, both Rocketdyn<sup>e</sup> ORISE, and  
6 DHS results. We're not here to review the quality of  
7 ORISE's work or DHS's work. Only look at the data  
8 they produced. We are looking at the way Rocketdyn<sup>e</sup>  
9 does their survey. We also will get the derived soil  
10 concentration limits that have been developed at the  
11 site to see what the basis is and if it's an  
12 appropriate basis, and I'll share that information  
13 from EPA which they will evaluate.

14 It's a completely independent review.  
15 We're not connected with the state. We're not  
16 connected with DOE. We're not connected with the  
17 site. So we're giving selected aspects of the  
18 project a completely fresh look, and we just started  
19 on that; so it's relatively early stage of that  
20 process.

21 Along with that, we will develop an  
22 independent survey work plan and do some additional  
23 selected measurements. Same way DHS will do. We'll  
24 look at areas that might be more likely to have  
25 problems and focus our attention on problem areas or

1 areas that may not have been given enough attention,  
2 but we're not going to do as extensive a degree of  
3 survey as either ORISE or DHS.

4 What I wanted to do here, it's really  
5 brief, is just show you we have some different  
6 approach to surveying than what you've seen. Two  
7 instruments: One which we didn't bring. It's called  
8 field instrument for detection of low energy  
9 radiation. It's designed to look for transuranium in  
10 surface soil. It's a field instrument. It's a  
11 ~~scintillation~~ <sup>scintillation</sup> detector designed to look for low energy   
12 ~~gamma~~ <sup>alpha</sup>. We can scan surface soils or surface areas  
13 directly without relying on laboratory testing.

14 Scanning in some cases is lot more  
15 effective than laboratory testing because you can  
16 only sample so much soil. You can't essentially  
17 sample 100 percent of the exterior soils, but you can  
18 survey a lot more than you can sample; so it may  
19 be -- for some of the sites, it may have some value.  
20 The other thing --

21 UNIDENTIFIED SPEAKER: Could you say the name?

22 MR. SHERMAN: It's called a fidler,  
23 f-i-d-l-e-r. Whether we use it or not depends on  
24 review.

25 UNIDENTIFIED SPEAKER: We also go inside the



1 buildings and use a lot of the same instruments.  
2 Slightly different, and some of the procedures may be  
3 slightly different, but essentially after the same  
4 goal within the buildings, but rather than being  
5 repetitive and have them demonstrate the same  
6 instruments, we thought they'd show a couple other  
7 things they're considering at the site.

8 MR. SHERMAN: We'll go where Tom asks us to  
9 go. We may be inside or outside or both. This is  
10 going back over a little bit, but there are basically  
11 five things that we're looking at. Direct output  
12 activity on surface without the simulator. We're  
13 looking at beta surface activity with a beta type  
14 probe. We're looking at soil activity, water, ground  
15 water, looking at direct gamma exposure rate or dose  
16 rate from whatever contaminants might be in the soil.  
17 Okay. So we can measure alpha and beta surface  
18 activity directly with field instruments, alpha,  
19 beta. And we can measure direct gamma exposure rate  
20 or dose rate with a unit like this or like this, or  
21 you may have heard the instrument that ORISE uses.

22 Basically every organization that does  
23 direct survey follows the same scientific principles  
24 and the same general approach, but there are subtle  
25 differences in the application. ORISE may do things

1 a little differently than DHS, and we'll do things a  
2 little differently, and Rocketdyn<sup>e</sup> does things  
3 differently. The point being that we can evaluate a  
4 situation and come to the same conclusion even though  
5 we've approached it a little differently. You'll see  
6 differences in the way things are done, but the idea  
7 is that they're all based on the same scientific  
8 basis and come to the same conclusion. And all  
9 these -- everything is standardized to government  
10 traceable calibration standards so that we're all  
11 getting to the same point. Okay.

12           Somebody asked a question about how far  
13 off the surface this is. It's a good point.

14           (Inaudible discussion held.)

15           MR. SHERMAN: The other thing we're going to  
16 do is we have a unit here which Leslie is going to  
17 demonstrate. Does anybody not know what GPS is?  
18 It's called geographic positioning system. Maybe  
19 you've seen it. It's the satellite technology for  
20 finding out where you are. Is anybody still not  
21 familiar with what I'm talking about? Okay. It's a  
22 satellite system with land based receivers to tell  
23 you where you are. This system can tell you where  
24 you are to within about two to three feet of the true  
25 location measured by the satellite system. Maybe

1 three feet. What it does is continuously records  
2 where the person is standing. Okay. They can stand  
3 there and put it into the computer information about  
4 the site.

5 The other thing we do, we have a -- this  
6 is -- it's a little larger. Two by two <sup>scintillation</sup> ~~syntelation~~ ←  
7 detector. As the surveyor is walking, recording the  
8 radiation reading, and walking it with a position.  
9 Okay. So we get <sup>data</sup> ~~beta~~ out that can be used to map, to  
10 document where the surveyor was, what the path was,  
11 what the speed was, and provide an audible,  
12 verifiable trail of the survey.

13 If you send a technician out, they'll  
14 survey an area. Reality is, you don't know what he  
15 did unless you were watching. You really -- I mean  
16 he could have -- I don't want to guess as far as  
17 Rocketdyn<sup>e</sup> or anybody else, but he could have went off  
18 and had a beer and wrote down a number. But this  
19 gives you a record where the person was. It really  
20 cannot be altered by the technician. Okay. We can  
21 use this to go out and resurvey an area and produce  
22 maps. We attended an actual demonstration of  
23 computer output, but we had a little glitch. We  
24 weren't able to do that, but I brought along some  
25 maps.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

*Nuedert*

MS. ~~HOBBS~~: Also we would show you how this works, but it can't work inside.

MR. SHERMAN: It's all satellite based; so we don't use it inside buildings. Basically get maps. You can come look at these. You get the actual detector reading plotted next to the location, and we can plot it on -- graph of the site or actually overlay it on an areal photograph or geographic survey quad. You can see exactly what the response of the detector was at the location.

(Inaudible discussion held.)

MR. SHERMAN: We haven't done any work at Rocketdyn<sup>e</sup>. We haven't done any work at Rocketdyn<sup>e</sup>. We've done one round of sampling of water. We have not done any radiation surveying.

UNIDENTIFIED SPEAKER: When do you intend to do this?

MR. KELLY: Maybe I can answer that one better. They have reviewed some documents, and I need to ask for some further documentation still, and then I'll be able to turn these guys loose to develop a work plan on surveying the specific facilities. And we also want to get that work plan out to people to comment on it to the extent that they want to. You guys can have an opportunity to look at it,

1 Rocketdyn<sup>e</sup>. We'll review that and make sure we're at  
2 least comfortable with what we're proposing to do.  
3 I'm expecting two to three months before they --  
4 we'll certainly keep you informed that we're not  
5 trying to do this -- we want people to watch this and  
6 even interact with the things we do.

7 (Inaudible discussion held.)

8 MR. KELLY: We are still discussing the  
9 buildings that we're going to be doing, and I didn't  
10 bring my list <sup>(of buildings to survey)</sup> I can share that with you, what we're  
11 going to be starting with and as to which ones we  
12 look at.

13 UNIDENTIFIED SPEAKER: Are you going to be  
14 doing samples <sup>of</sup> ~~on~~ the water?

15 MR. KELLY: I want to make sure we can do that  
16 fast enough because they're going to be starting  
17 again. I hope we will be able to sample.

18 UNIDENTIFIED SPEAKER: You've been doing it for  
19 forty years or something.

20 MR. KELLY: The next round for the  
21 radioactive -- they do the monitoring every six  
22 months. Although they have chemical monitoring in  
23 addition that goes on every quarter.

24 (Inaudible discussion held.)

25 MR. KELLY: Primarily radioactive

1 contaminants. As long as we're there, we'll look for  
2 organic compounds which is the primary known problem  
3 with the ground water at the site. We did that on  
4 some of the wells.

5 (Inaudible discussion held.)

6 ~~UNIDENTIFIED SPEAKER:~~ <sup>Sheldon Plotkin</sup> I'd like to know the  
7 relationship between your company and Greg<sup>a</sup> Dempsey's  
8 group in Las Vegas.

9 MR. KELLY: I don't know if they have much of  
10 a relationship. It's my intent, since they're going  
11 to work for ~~EPA~~<sup>EPA</sup>, they'll run their plans through  
12 Greg<sup>a</sup>. I offered Greg<sup>a</sup> an opportunity to look at what  
13 they proposed for ground water sampling, but he said  
14 he wasn't that familiar with the issues there, and I  
15 ran it through our internal folks in our office for  
16 quality control.

17 (Inaudible discussion held.)

18 MR. SHERMAN: Let me add something you've  
19 heard about. We're a private company. We used to be  
20 called PRC. It has been in existence for at least 15  
21 years, and originally we worked for EPA. We've  
22 worked for them all this time. To this day most of  
23 our work is still for government agencies. We're  
24 pretty much working for EPA and have been for quite a  
25 long time. That's why we're on this job.

1 ~~UNIDENTIFIED SPEAKER~~: <sup>Sheldon Plotkin</sup> Have you worked with  
2 Dempsey's group before?

3 MR. SHERMAN: I haven't personally. We were  
4 required to change our name.

5 ~~UNIDENTIFIED SPEAKER~~: <sup>Sheldon Plotkin</sup> Did PRC do some work  
6 with -- any work at all with Dempsey's group in  
7 Vegas?

8 MR. SHERMAN: Possible. I'm not sure.

9 ~~UNIDENTIFIED SPEAKER~~: <sup>Joe Lyov</sup> Do you have a company  
10 resume of some sort?

11 MR. SHERMAN: I'm sure, yes.

12 UNIDENTIFIED SPEAKER: Would you be able to  
13 provide that?

14 MR. SHERMAN: He's <sup>(Tom Kelly)</sup> already got one.

15 UNIDENTIFIED SPEAKER: We appreciate that.

16 MR. SHERMAN: This is the other diagram, and  
17 each box represents a meeting that was collected at a  
18 certain position, and there are several ways we can  
19 analyze the data on our computer system once you have  
20 it. These are examples. I wanted Leslie to  
21 demonstrate how you might do the survey with the  
22 large detector. Can you hold it?

23 MS. ~~HOPKIN~~ <sup>NEUDERT</sup>: I'll try.

24 MR. SHERMAN: I'll tell you what we're doing.  
25 We'll either take readings at one meter height or

1 ground surface. Usually one meter height.

2 Contamination, trying see if there's anything around.

3 We'll have the meter close to the surface.

4 MS. <sup>Neudert</sup>~~HOPSIN~~: I would have the detector so that  
5 it's constantly reading, and walk...

6 MR. SHERMAN: You can go ahead and turn the  
7 sound on. It clicks sometimes. It's bothersome.

8 MS. <sup>Neudert</sup>~~HOPSIN~~: It's so subtle.

9 MR. SHERMAN: Let them hear it for a minute.

10 Listen to it click carefully.

11 MS. <sup>Neudert</sup>~~HOPSIN~~: Can you hear that? Obviously if  
12 I walk over this and hear it, I would go back, just  
13 like Paul was saying, and you go over. You hear it  
14 go up, and you go back and take either a one minute  
15 or five minute count, and then you could go back.

16 MR. SHERMAN: There you go. You start to hear  
17 gamma. Sometimes certain differences are so subtle  
18 in the area, that the surveyor won't know.

19 MS. <sup>Neudert</sup>~~HOPSIN~~: So this is logging. This would  
20 be logging.

21 MR. SHERMAN: Every two seconds --

22 MS. <sup>Neudert</sup>~~HOPSIN~~: It takes a count.

23 MR. SHERMAN: Every two seconds. As soon as  
24 the meter updates the digital display of the logging,  
25 the computer will take the average of the position



1 for the satellite before the reading and after the  
2 reading which it associates with the reading and puts  
3 it on the maps.

4 UNIDENTIFIED SPEAKER: This doesn't work  
5 indoors?

6 MR. SHERMAN: No, it doesn't work indoors.

7 UNIDENTIFIED SPEAKER: What do you have to do?

8 MR. SHERMAN: Use the chalk lines or use the  
9 grids, old Rockwell grids.

10 MS. <sup>Neudert</sup>~~HOPSIN~~: Letter and number grids. ←

11 MR. SHERMAN: The one thing I wanted to point  
12 out, we came out here to demonstrate this. We did a  
13 survey outside this building this afternoon, and we  
14 measure raw detector response and counts per minute.  
15 That's how we reported. You may have seen that  
16 counts per minute term. Just around here, depending  
17 on whether I was standing over asphalt or close to  
18 the building or out over dirt, we measured between  
19 9,500 and 11,200 counts per minute; so that's a 2,000  
20 count per minute range for presumably a clean,  
21 unaffected by nuclear activity site.

22 Anywhere we went, you find the similar  
23 thing. Your detectors are a little smaller; so they  
24 have a slightly lower count rate, but you get the  
25 same kind of range, and measuring radioactivity at

1 the low safety standards that have been set for  
2 releasing these facilities is very problematic  
3 because the range of background is 15 to 20 percent  
4 of the reading, and sometimes it's hard to  
5 distinguish affected areas -- areas that have been  
6 affected by contamination from nuclear activities in  
7 a varied background. Okay. So there are limits to  
8 what can be done from a scientific standpoint. Okay.  
9 There are actually mathematical, statistical limits.  
10 And with more money, obviously you can do more, but  
11 you can't beat the physics of the situation and get  
12 perfection or measure absolutely. In some cases you  
13 can't say absolutely if there was some contamination  
14 or some impact. There's a limit to what you can do.

15 Let me just say one more thing. The  
16 other problem is I think, if not all, most of the  
17 radio nuclei that we used here are present in the  
18 environment, either naturally or as a result of fall  
19 out weapons testing from the 50's and 60's; so you  
20 can't necessarily tell in every case whether it's an  
21 actual or from the operations, and the amount of  
22 uranium -- uranium in the soil six inches deep over  
23 this building is if you measured it and compared to  
24 some of these sources, it's a huge amount of material  
25 just naturally existing. Okay.

1 (Inaudible discussion held.)

2 MR. SHERMAN: Oh, yes. There's a practical  
3 limit. There's only four of those guys, and they've  
4 got other projects. There's a practical limit on  
5 this. The detection that are established under  
6 either DOE orders, NRC 186 same number, everybody  
7 uses the same numbers, and without two to three  
8 minute readings per area, you can't measure it at  
9 that level. One of the key things we look for -- and  
10 I know the state looks for when they review anybody's  
11 work plan -- is demonstration of how the instrument  
12 you're going to meet better than the detection limit.  
13 If the detection limit is 100, you guys want to  
14 see -- what -- 50 is the detection limit?

15 MR. <sup>HSU</sup>~~SHU~~: Usually 10 percent to 50 percent  
16 below the limit. L

17 MR. SHERMAN: If you set the detection limit  
18 right at the limit, you'll miss it. That's a fact.

19 Another thing I'll point out -- I didn't  
20 say it when Paul was talking -- none of the  
21 decommissionings that I'm aware of have inspectors  
22 from the government on site during the  
23 decommissioning. It's always done after the fact,  
24 come back. That's the way it is in all the nuclear  
25 facilities; so to expect full time on-site inspector

1 is just not going to be, and this is not -- this is  
2 not what we call a high risk facility. I would say  
3 more on the --

4 (Inaudible discussion held.)

5 MR. SHERMAN: You mean there's a  
6 contamination? Oh, no.

7 UNIDENTIFIED SPEAKER: I heard it's the worst  
8 part of any spot in this area.

9 MR. SHERMAN: Maybe in Southern California.

10 (Inaudible discussion held.)

11 MR. SHERMAN: I don't think this site falls  
12 into that category. You've got to be careful. They  
13 were not power reactors. They were not large scale  
14 reactors.

15 (Inaudible discussion held.)

16 MR. SHERMAN: I don't know what the controls  
17 were or how safely they were operated. I'm not  
18 making any judgment on that. I'm just saying small  
19 reactive materials, small power levels, not major  
20 sites in terms of materials, in terms of  
21 contamination.

22 UNIDENTIFIED SPEAKER: There are some DOE  
23 reports -- maybe we can bring them to the next  
24 meeting -- where they spell out the budget over the  
25 next five or ten years at different sites and they

1 predict billions of dollars at some of their sites.

2 (Inaudible discussion held.)

3 MR. SHERMAN: Does anybody have any questions  
4 for me at this time, or are there any more questions  
5 on the measurement process?

6 (Inaudible discussion held.)

7 MR. KELLY: That's what these folks do.  
8 Remember that EPA isn't actually the regulatory  
9 agency in charge at the site. There's a variety of  
10 environmental regulations. For radiation it's the  
11 California Department of Health Services. They are  
12 in charge of the clean up of the site. The community  
13 group has asked us to get involved and look at some  
14 of the work that's being done, and we're willing to  
15 do that. We want to try to do that hopefully and,  
16 you know, develop the --

17 UNIDENTIFIED SPEAKER: Who asked you to be the  
18 oversight on this?

19 MR. KELLY: I guess maybe you're going to back  
20 to 1989. I was just thinking more recently of when  
21 you guys were up to -- wrote to our regional  
22 administrator and said we want you to get more  
23 involved in the radioactive clean up of the site. We  
24 talked to <sup>Rocketdyne</sup> ~~Rocketdyn~~ and talked to DOE and said what  
25 do you think? Do you guys have a problem with that?

1 We actually don't have the authority to come in and  
2 demand them to do what we want, but they essentially  
3 invited us in. As the Department of Health Services,  
4 they've been cooperative in working with us.

5 (Inaudible discussion held.)

6 MR. KELLY: It would be nice if there's one  
7 agency that would give people a higher level of  
8 comfort. Essentially it ends up being other  
9 agencies. There's Department of Health Services.  
10 There's another agency that's overseeing clean up of  
11 chemical contamination. There's a different agency  
12 that regulates air releases. There's a different  
13 agency that regulates surface water releases.  
14 There's a lot of different agencies, and, you know,  
15 that's essentially --

16 (Inaudible discussion held.)

17 MR. KELLY: Essentially a lot of the  
18 environmental laws started at the federal level --  
19 Clean Air Act, Clean Water Act. EPA has delegated  
20 these programs to the state who, in turn, will  
21 delegate them to other agencies. Department of  
22 Health Services is a state agency; so they operate  
23 throughout the state; so with all the laws, they're  
24 delegated down, and we have an oversight  
25 responsibility of essentially all -- fairly nearly



1 all the agencies involved at the site. Possible  
2 exception being the Department of Health Services.  
3 Some of what their authority ties back to is actually  
4 the <sup>N</sup>nuclear <sup>R</sup>regulatory <sup>C</sup>commission.

5 MR. SHERMAN: EPA sets the overall radiation  
6 standards of all the federal agencies. EPA sets all  
7 the standards.

8 (Inaudible discussion held.)

9 MS. SEMONES: Other questions for Conrad?  
10 What we might do, we have the room available to us  
11 until 10:00 o'clock, and we would welcome any and all  
12 of you to come on up and get more acquainted with the  
13 material up here if you'd like, and the gentlemen  
14 will continue to answer your questions. Okay.

15 (Ending time 9:15 p.m.)

16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

REPORTER'S CERTIFICATE

STATE OF CALIFORNIA        )  
                                  )    ss.  
COUNTY OF LOS ANGELES    )

I, KAREN E. GEER, CSR No. 9781, certify:

That the foregoing proceedings were taken before me at the time and place therein set forth, at which time the witness was put under oath by me;


That the testimony of the witness and all objections made at the time of the examination were recorded stenographically by me and were thereafter transcribed;

That the foregoing is a true and correct transcript of my shorthand notes so taken.

I further certify that I am not a relative or employee of any attorney or of any of the parties, nor financially interested in the action.

I declare under penalty of perjury under the laws of the State of California that the foregoing is true and correct.

Dated this 9th day of February, 1998.

  
KAREN E. GEER, CSR No. 9781